

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
FEDERAL ENERGY REGULATORY COMMISSION

Joint Meeting With  
CALIFORNIA STATE WATER RESOURCES CONTROL BOARD

- - - - - x  
Rugraw, LLC Project No. 12496-002  
- - - - - x

LASSEN LODGE HYDROELECTRIC PROJECT - Morning Meeting  
Cal/EPA Building  
1001 I Street  
Sacramento California 95814  
Wednesday, November 5, 2014

The morning scoping meeting, pursuant to notice,  
convened  
at 9:10 a.m., before a joint Staff Panel:

- MICHELE LOBO, California State Water Resources Control Board
  - ADAM BEECO, Project Coordinator, Federal Energy Regulatory Commission
  - CLAIRE McGRATH, FERC
  - RYAN HANSEN, FERC
  - ALAN MITCHNICK, FERC
  - STEVE CRAMER, Cramer Fish Sciences
- with:
- CHARLIE KUFFNER, Rugraw, LLC

## 1 P R O C E E D I N G S

2 (9 a.m.)

3 MS. LOBO: Good morning and welcome to the joint  
4 environmental scoping meeting for the Lassen Lodge  
5 Hydroelectric Project, which is being held by the Federal  
6 Energy Regulatory Commission and the State Water Resources  
7 Control Board. My name is Michelle Lobo and I work for the  
8 State Water Resources Control Board.

9 For those unfamiliar with this building, we have  
10 a few housekeeping details to go over. The drinking  
11 fountain and restrooms are located out of the doors at the  
12 back of the room, go left and then left again and the  
13 restrooms and drinking fountains will be on your right.  
14 Food service is available in the building on the 1st floor.  
15 Take the stairs or the elevator to the first floor and the  
16 cafe is located across the lobby from the security desk in  
17 the main lobby. The cafe only takes cash.

18 As you might imagine, we also strongly encourage  
19 recycling efforts in this building. Please look for the  
20 green and tan 3-in-1 containers located outside the doors at  
21 the back of the room to recycle your papers, cans and  
22 bottles. Please look around you now and identify the two  
23 exits closest to you. In some cases an exit may be behind  
24 you. In the event of a fire alarm, we are required to  
25 evacuate the building. Please take your valuables with you

1 and do not use the elevators. Staff will assist you to the  
2 nearest exit. You may also find an exit door by following  
3 the ceiling-mounted exit signs. Proceed down the stairways  
4 to a reconvening site across the street in Cesar Chavez  
5 Park. If you cannot use the stairs you will be directed to  
6 a protected vestibule inside the stairwell. Please obey all  
7 traffic signals and exercise caution crossing the street.

8 Meeting materials are located on the tables at  
9 the back of the room. Please sign the attendance sheet so  
10 we have a record of who attended this meeting. If you would  
11 like to speak, print your name on a blue card like this one  
12 and hand it to the court reporter on the right side when you  
13 come up to the podium during the question/comment period.  
14 This will assist the court reporter with the correct  
15 spelling of your name.

16 This meeting is being webcast so please be sure  
17 to speak clearly into the microphone. If you would like to  
18 comment but do not plan to speak, put the blue card in the  
19 box at the back of the room. For those of you participating  
20 via the webcast, you may submit comments or questions during  
21 this meeting to [auditorium@calepa.ca.gov](mailto:auditorium@calepa.ca.gov) and we will share  
22 your comments during this meeting. This email address also  
23 appears on the video screen at the webcast.

24 Please join me in welcoming Adam Beeco with the  
25 Federal Energy Regulatory Commission to get the meeting

1 underway. Thank you.

2 MR. BEECO: Hello. My name is Adam Beeco and I  
3 am with the Federal Energy Regulatory Commission. This is,  
4 again as Michelle said, the joint scoping meeting for the  
5 Lassen Lodge Hydroelectric Project for FERC as well as for  
6 the California State Water Resource Control Board.

7 The meeting agenda, there are just a few folks  
8 here so we will do some introductions. I think we will just  
9 have everybody introduce themselves. We will talk about why  
10 we are here, the project, the licensing process that is used  
11 by FERC, the proposed project, some of the issues in scoping  
12 that have been identified by FERC and we will have some  
13 comments, discussions and questions at the very end. Before  
14 we get to introductions, I am going to ask that you all  
15 stand, face the flag and we will state the #Pledge of  
16 Allegiance.

17 [Pledge of Allegiance]

18 MR. BEECO: We will start with introductions.  
19 Just give your name and the agency which you are affiliated  
20 with. Again, my name is Adam and I am with FERC. I am the  
21 project coordinator for this project.

22 MS. LOBO: Michelle Lobo and I am with the State  
23 Water Resources Control Board.

24 MR. HANSEN: Hi. Ryan Hansen of the Federal  
25 Energy Regulatory Commission.

1 MS. MCGRATH: Claire McGrath with the Federal  
2 Energy Regulatory Commission.

3 MR. BEECO: Dan is our court reporter.

4 MR. TOMPKINS: Jim Tompkins with Rugraw LLC.

5 MR. LEAPLEY: Phil Leapley with Tetratech.

6 MS. HOWELL: Virginia Howell with Tetratech.

7 MR. CRAMER: Steve Cramer of Cramer Fish

8 Sciences, which sub to Tetratech.

9 MR. BREWER: Good morning. I am Doug Brewer of  
10 Brewer Environmental consulting and sub consult to  
11 Tetratech.

12 MR. KUFFNER: I am Charlie Kuffner with Rugraw,  
13 LLC. We are the applicant.

14 MS. MATAVAZI: Emily Morazavi, State Water Board.

15 MR. MICHNICK: Alan Michnick with Federal Energy  
16 Regulatory Commission.

17 MR. BARNES: Peter Barnes with the State Water  
18 Board.

19 MR. BIONDI: Oscar Biondi, State Water Board.

20 MS. VALEJOS: Ann Tiabi Valejos, State Water  
21 Board.

22 MR. BEECO: Thank you for those introductions.  
23 Just so you know, we have some folks joining us through a  
24 webcast as well. Do we know who those people are?

25 MS. LOBO: Via webcast I think there is Erin

1 Regazzi with the State Water Board and Nicole Delamar with  
2 the State Water Board, and Brianna Dressier with the State  
3 Water Board.

4 MR. BEECO: So it sounds like there are some  
5 Water Board folks, some folks with the applicant and FERC.  
6 So, this will probably be a rather quick meeting but we have  
7 some folks that may be joining us within the next few  
8 minutes. We will go ahead and keep moving forward.

9 All right, so the Federal Energy Regulatory  
10 Commission is a federal agency responsible for oversight of  
11 non-federally operated hydroelectric projects and Rugraw,  
12 LLC has filed an application to construct, operate and  
13 maintain the Lassen Lodge Hydroelectric Project. FERC has  
14 reviewed the application and we have identified specific  
15 resource issues that may be affected by the project that we  
16 will be considering in our review of the application and we  
17 are holding this scoping meeting to hear comments from the  
18 public as well as agencies about the project and resources  
19 that may be affected if the license is granted.

20 So, project history. This project has been  
21 around a while but it has changed a lot so we just wanted to  
22 make sure everybody was aware of that. It had a different  
23 project number when it was originally filed in 1994. There  
24 have been some changes since then and the application was  
25 dismissed in 1999. Licensing began again in 2001 under a

1 separate licensing process and in 2007 that licensing  
2 process was changed to what we are currently using, which we  
3 will talk about in a minute, the traditional licensing  
4 process of the TLP. The license application was filed again  
5 on April 21, 2014 and this is a current license application.  
6 This is the application that is under review now.

7           So all of the past licensing processes, though  
8 the studies may be relevant the application is no longer  
9 relevant. A little bit about the licensing process, the  
10 TLP. FERC has a number of different licensing processes,  
11 but the traditional process begins with the application file  
12 which happened in April. Then we go through a  
13 study/plan/development phase which we will talk a little bit  
14 about and then we go through scoping which is what we are  
15 currently doing now. Then study reports are filed and once  
16 FERC has determined that we have enough information to  
17 evaluate the project and the resources that may be impacted,  
18 we will issue what is called an REA notice or Ready for  
19 Environmental Analysis notice. After that, when we have  
20 determined we have the information, we will begin to write  
21 our analysis.

22           We will have a draft for this project as well as  
23 a final EA and then at a later date we will come with an  
24 order on whether or not to license the project.

25           Just to keep everybody up to date, again the

1 license for application was filed on April 21, 2014. FERC  
2 issued a need for additional studies on October 3, 2014.  
3 The study plans are due in December 2, 2014 and those  
4 required studies were the temperature modeling and several  
5 transport modeling studies. Hopefully, today there was an  
6 additional request for a study on the Foothill Yellow-legged  
7 Frog and hopefully today or tonight we will be discussing  
8 whether or not to move forward with that study. We wanted a  
9 little additional information about that study request. So  
10 scoping, again that is what we are here for today. It is  
11 not just these meetings, you can also file comments but we  
12 issued a scoping document on October 3rd which is available  
13 in the back if you have not already picked that up. We will  
14 be taking comments today. Any other comments can be filed  
15 with FERC and we will talk about how to do that later in the  
16 presentation by December 5, 2014. That is the important  
17 date there is December 5, 2014 and tomorrow there is a site  
18 visit to the proposed site of the project.

19           Again, as I mentioned with the REA, FERC will  
20 issue a ready for environmental analysis notice indicating  
21 that we have enough information to evaluate the effects of  
22 the project. At this time, I am going to have the licensee  
23 present their presentation on some of the facilities of the  
24 proposed action for the project.

25           MR. CRAMER: Good morning. My name is Steve



1 Cramer. I am the fisheries scientist at work on this  
2 project on behalf of Rugraw. Our firm is Cramer Fish  
3 Sciences. I am going to go through an orientation to what  
4 the project has in particular being a scientist interested  
5 in fish I will probably give that a little more emphasis. I  
6 will show you a few pictures so you will have a sense of  
7 what the project area looks like, refer you to some maps and  
8 had-outs that are here as well so this is a fairly quick  
9 orientation.

10 First of all, there are a couple of really  
11 prominent features in the river that are notable and are the  
12 bookends to where the project area is. Angel Falls is one  
13 to talk about. This is a picture that we actually took, all  
14 our crews were out there earlier on a survey. That report  
15 has been included in the application documents. This was  
16 taken July 4, 2014, flow was 19 cfs at the bridge above  
17 Angel Falls and so this should be about 19 cfs coming from  
18 the falls at that time. So that is a real notable place  
19 that is below the proposed intake for the water. It is  
20 halfway between that feature, Angel Falls and Panther Grade.  
21 This feature that I am showing you here is where the  
22 powerhouse is and would return offload to the stream.

23 Panther Grade here is shown. You will see the  
24 note at the bottom of the picture is June 14, 2013. So the  
25 flow is higher than 19cfs at that time so this gives you a

1 kind of sense of its size. That is me standing down, kind  
2 of halfway up the grade. That is what those features look  
3 like. Here on a map it shows exactly where you would find  
4 the particular features. The right side of this map is the  
5 upstream edge and it shows you the diversion is at about 23.  
6 I showed you Angel Falls is marked on this map at about  
7 22.2, and there is gauging data that would be used on this  
8 thing also at the upper end there is at Highway Bridge 26  
9 which is near about 22.5. Angel Falls then is 0.8 of a mile  
10 below where the proposed intake would be placed.

11           Then as we move down to the area that is marked  
12 in red on the stream is actually the project reach. Note  
13 that it ends well above the previous feature I showed you on  
14 Panther Grade. That one is at 18.9 but the powerhouse is  
15 going to be upstream by almost about a mile and a half.  
16 Then right below Panther Grade, Panther Creek enters. So  
17 this is notable. A couple of important things we will touch  
18 on briefly indicate that there is a substantial difference  
19 in the ability of the stream to support fish life and in  
20 particular anadromous fish life. Below low Panther Grade  
21 that is quite different than what there is above Panther  
22 Grade in terms of the summer.

23           Let us just look at the project team here so we  
24 know that there are experts that Rugraw has retained to  
25 answer the questions that might arise with this. First of

1 all, I am sorry the white printing here is not showing up  
2 well. But, at any rate, the applicant Rugraw has with us  
3 here today Charlie Kuffner who is the president and Jim  
4 Tomkins the project engineer. They are down in front if  
5 anybody would like to talk with them.

6           The principal consultant leading the team for  
7 studies is Tetratech. Virginia Howell is project manager,  
8 Phil Leapley is the coordinator and they are both up here in  
9 the front row today. Karen Roonconvey, if I am saying her  
10 name right, is the person who has got terrestrial botanical  
11 resources. Jim Farrell will be handling the historical and  
12 archeological issues. Rachel Katz is handling socioeconomic  
13 recreational facilities, those kinds of things. Below that,  
14 you see who the supporting firms are. I am Steve Cramer and  
15 that is the fisheries elements.

16           We initially had a process in the application  
17 where the application was reviewed by, we received review  
18 comments from California Fish and Game, National Fishery  
19 Service and the State Water Control Board at that point  
20 identified several issues that further information was  
21 requested upon. That was when a special request was made by  
22 I think the Water Control Board, and then was further echoed  
23 by FERC that there would be studies to look at temperature  
24 modeling within the project effects area and sediment  
25 transport within the project effects area.

1           At that point we brought on, we felt it was  
2 absolutely best to do those kind of things so we brought in  
3 Waterforce Engineering and that is Michael Diaz, PhD. I  
4 have worked with him in the past and he is an exceptional  
5 scientist and a real pleasant guy to work with. Then he in  
6 turn said that the people he works with who are great on the  
7 issues of sediment transport would be Northwest Hydraulic  
8 Consultants. Dr. Bob McArthur is on our team there. This  
9 is a team of folks who has high regard for one another and  
10 have a lot of experience in this area.

11           Doug Parkinson is on this list. He is a guy who  
12 has done a whole lot of field work and you will see him in  
13 one of the pictures I will show here. Lynn Compass is a  
14 senior archeologist and we have with us Doug Brewer, and he  
15 has got wildlife, water quality issues and things of that  
16 nature.

17           Again, one of the things that came up as we saw  
18 on remarks of the Panther Grade that had been identified as,  
19 debated on whether or not it was really a fish passage  
20 barrier. There was reason to stand beside it, I stood  
21 beside it and thought well, it could be my imagination.  
22 There could be potential passage there at the right flow and  
23 it would be some very high flow and we do not know what that  
24 was. So California Fish and Game filed a statement that  
25 they believed it was passable at some flow and should be

1 treated that way.

2 This seemed reasonably appropriate and so later  
3 in years finally another study was commissioned. We  
4 actually went out and measured it. That is available I  
5 think in the filing documents as well but this took  
6 measurements clear up to 100 cfs and you see in this picture  
7 one crazy guy standing in the middle of the stream measuring  
8 the depths of the jump pools. Just so you know, jump pools,  
9 the way that US fish and Wildlife service and others, there  
10 is a very standard procedure for measuring passability.

11 The depth of the pool below a jump needs to be  
12 1.25 times as deep as the height they have got to jump. So  
13 in other words, if you have to jump 6 feet in like an 8-foot  
14 pool below to give the fish enough ability to jump that  
15 6-foot jump. You would see the measurements of Panther  
16 Grade at any rate. At the various flows it has been  
17 measured now at 24cfs, at 100cfs, and at 180cfs in this  
18 picture and at all of those it was not anywhere near  
19 passable. Various routes were measured across and it was  
20 completely inadequate jump pools all the way across. That  
21 does not mean it would never get there at some higher flow  
22 but we don't know what that flow is but it was not  
23 approaching passability at 180cfs.

24 That is only a point because this feature is 1.6  
25 miles below the powerhouse so all project flow would have

1 been returned at a whole mild and a half upstream before it  
2 even gets here but this would limit access at any time to  
3 even get into the project breach.

4           There is more to that story that I will touch on  
5 in a second. Here is just a quick picture to show you we  
6 have done fishery studies and those can be found in the  
7 application. One of the notable things we found is we did  
8 this survey with flow at the time was 13 cfs. This was in  
9 July of 2013. Here we see a picture of a pool. There are a  
10 few pools up there and they become a key limiting factor in  
11 the operation and the ability of the fish to use that area.  
12 Fifteen percent of the area in the bypass reach, that would  
13 be below Angel Falls down to the powerhouse where all flow  
14 would return, the pools only come to about 15 percent.

15           Here is why that matters, because the other 85  
16 percent is primarily ripples and rapids. Here you see a  
17 picture taken this fall in October. This is even below the  
18 powerhouse so this is before they even get the project  
19 reach, because of the absence of spring flow coming in which  
20 does turn out to off-come in the Panther Grade and down to  
21 Panther Creek. You have very little flow in the stream  
22 channel and if there is not at least 6 inches deep fish that  
23 are any more than 4-5 inches long will not inhabit that,  
24 they will avoid that. This leaves them highly vulnerable to  
25 birds, raccoons, any kind of surface predators; so we have

1 way too shallow water and a real rugged place to get. That  
2 becomes pretty inhospitable and rearing habitat strongly  
3 limits what fish can survive above, well, within the project  
4 reach.

5           There are a couple of new studies in progress  
6 just to give you an idea of what they are right here. As  
7 requested, we are in the middle of developing a temperature  
8 simulation model. That first step is to get review by the  
9 agencies and approval but we are on the right course and we  
10 are in that process now. We have developed a synthetic  
11 temperature flow record that would feed into the assessment  
12 of both the sediment and of the temperature and that is in  
13 process now. Sediment transport study as requested by FERC  
14 is also in process and again, Northwest Hydraulic  
15 Consultants is doing that.

16           Then once those pieces are done, the information  
17 gained with the input into a simulation model we have for  
18 fish that would model their response as it changes habitat  
19 and affects how many fish would inhabit here, what fish  
20 could be supported, and what life stages might be at risk.  
21 That, too, would happen for the yellow-legged frog and other  
22 wildlife and aquatic resources in the area.

23           There are some interesting findings to date. So  
24 there are just a couple to touch on you will find in the  
25 information. Recently was filed the base-flow study. A

1 remarkable finding really this year, we know that Panther  
2 Creek is famed for its spring inflows to cool water and  
3 abundant flows that are sustainable throughout the summer  
4 and the good news is that does exist in the South Fork area.  
5 The surprise is that spring flow is absent in the bypass  
6 area and the entire stream bed dried up this year for  
7 several months of the summer. There was no flow at all  
8 whatsoever over Angel Falls.

9           A half of a cfs starts to come in about a quarter  
10 mile above the powerhouse location, so that is only one-half  
11 of a cfs. It is only about 1.5cfs by the time it reaches  
12 Panther Grade, so you have very little flow and then  
13 substantial flow starts to come in at Panther Grade and then  
14 in multiple springs between Panther Grade and Panther Creek,  
15 and that is about a half-mile stretch in there. That  
16 stretch, by the time you get to the mouth of Panther Creek  
17 there is 28cfs. It is good, cold water. The springs are  
18 coming in so we do have the spring water to support the  
19 strong fish life even in the worst of droughts and that  
20 water is coming in from Panther Grade to Panther Creek so  
21 that is a mile and a half below the lower limit of the  
22 project.

23           Some retention flow is substantially better for  
24 that reason because of those springs below Panther Grade  
25 than they are above. Panther Grade, as I just showed you,



1 the passage measurements that were actually made confirm it  
2 is not passable at least up to 180cfs. Fish remaining in  
3 habitat bypass reach is strong but limited by the low flow  
4 as far as pools this year. The fish that were there all  
5 died. All pools drained. There were only a couple of  
6 residual pools that retained water and the water quality  
7 were quite poor. There was dead fish and bird and animal  
8 tracks all around licking off whatever they could so it was  
9 not a good place to be. Also, the record shows that this  
10 has happened in the past just based upon flows we had seen  
11 at the upper end above and right near the project intake.

12 Habitat in the bypass reach is poorly fit for  
13 spring Chinook if they were to arrive in the spring and have  
14 to hold through the summer. There is very little holding  
15 habitat and especially late in the summer, and they would  
16 spawn right at this low-flow and I will show you some  
17 pictures there. In low seasons there will be no water they,  
18 no fish will not be able to spawn there. In good years,  
19 there could be water there but of course they would have to  
20 get up to Panther Grade.

21 So, those are just some interesting findings from  
22 our studies to date and a whole lot more is coming. That  
23 concludes what I would have to say. Let me also say, I did  
24 think I said, there is a whole bunch of maps posted up in  
25 back and not just maps but diagrams and features of the

1 actual project facilities and there are maps available so  
2 you can look at the project area in the handouts.

3 MR. BEECO: Thank you. We here at FERC are now  
4 going to basically run through the scoping document and go  
5 issue by issue that we have identified on our evaluation of  
6 the application. We will go ahead and run through that.

7 The purpose of scoping is to identify issues,  
8 identify reasonable alternatives, identify any available  
9 information or study needs that we may or may not be aware  
10 of, identify cumulative issues and the geographic temporal  
11 scope of those issues and also a site visit. As far as  
12 cumulative effect goes, the only thing that FERC has  
13 identified thus far is aquatic resources and the geographic  
14 scope that we have identified is from the South Fork of  
15 Battle Creek to the confluence of the North fork of Battle  
16 Creek. The preliminary resources, they are listed here. We  
17 will have a slide for each one of these. For geology and  
18 soils one of the things we will anticipate on evaluating is  
19 the effects of project construction on erosion and  
20 sedimentation of project lands. For aquatic resources, I  
21 will have Claire McGrath read through those, Claire.

22 MS. MCGRATH: Some of the probable effects we  
23 have identified for aquatic resources are the effects of  
24 actual project construction, the in-water work and  
25 excavation on water quality. This includes potential

1 effects on temperature, dissolved oxygen and turbidity  
2 around this construction site, effects of project  
3 construction activities on the potential release of  
4 contaminants which could include fuel lubricants and other  
5 wastes into the project waters and also effects of the  
6 project construction activities on fisheries and aquatic  
7 habitat downstream of any construction work.

8           The effects of project operation on water quality  
9 in the south fork of Battle Creek are identified. There are  
10 potential effects of project operation including ramping  
11 during startup and shutdown and minimum-flow releases on  
12 fisheries and aquatic resources in south fork Battle Creek  
13 in the bypass region; and effects of bypass operation  
14 facilities on upstream and downstream fish passage including  
15 entrainment and turbine mortality.

16           MR. BEECO: All right, and for the terrestrial  
17 resources we will have Alan Michnick.

18           MR. MICHNICK: The first effect we have identified  
19 is habitat related effects, the effect of project  
20 construction, operation and maintenance on vegetation  
21 including habitat loss, habitat degradation, fragmentation  
22 and the associated effects to wildlife populations. We have  
23 an issue of invasive species, the project construction,  
24 operation and maintenance and recreation on invasive plant  
25 species. We have an issue of stress effects on wildlife

1 populations (next slide), effect of construction and project  
2 operation on wetlands and riparian habitat. Now we have the  
3 disturbance effects, the stress-related effects to wildlife  
4 populations from noise, construction activities, human  
5 presence including helicopter use, and also we have an  
6 effect on special status wildlife species.

7           In particular, the Foothill Yellow-Legged Frog  
8 from construction, operation and project maintenance.

9           We have identified one federally listed species  
10 that could potentially be affected by the project and that  
11 is the California Red-Legged Frog. Okay, now to talk about  
12 the Yellow-Legged Frog. The Foothill Yellow-Legged Frog is  
13 not federally listed under the Federal Status Species of  
14 concern.

15           Cal Fish and Wildlife did provide a study  
16 request. They wanted a survey done of breeding habitat of  
17 breeding frogs. This is a new issue and that is why we  
18 wanted to talk a little bit about it so hopefully the  
19 applicant could provide some information. We sort of wanted  
20 to better understand why the issue might have come up later  
21 in the process. Is it because of sightings that Cal Fish  
22 and Wildlife has provided that they were not aware of  
23 beforehand so that would certainly help us get a better  
24 understanding of the issue and why it is sort of cropped up  
25 at the last second? Also, maybe what sort of information we

1 have on existing habitat, potential habitat for the frog? I  
2 mean, do we have any information on just the habitat  
3 features in the bypass reach that could be suitable for the  
4 Yellow-Legged Frog and perhaps just some insight into the  
5 use of the drainage by the Yellow-Legged Frog?

6 Cal Fish and Wildlife is not here so hopefully we  
7 will have an opportunity to talk to them about this issue  
8 either tonight or maybe later on. I open it up to the  
9 applicant, if they have any sort of insight into this issue  
10 that might be helpful.

11 MR. BREWER: You want me to go up here, Michelle?

12 MS. LOBO: You can go right here.

13 MR. BREWER: Oh, Okay. Hello?

14 I was going to say I will just go up to the  
15 podium.

16 First of all, there is a tremendous amount of  
17 data available to do an impact assessment for the  
18 Yellow-Legged frog and the Red-Legged Frog. Again, my name  
19 is Doug Brewer and I am with Brewer Environmental consulting  
20 as a sub to Tetrattech and I am going to be presenting  
21 numerous points of evidence as to why we really do not need  
22 to do any more technical study for Red-Legged Frog or the  
23 Yellow-Legged Frog. A lot of this comes from the work of  
24 Doug Parkinson who has been studying the river for over  
25 10-11 years, since 1996. Doug has spent more time on that

1 creek than anyone on the study team, doing stream-flow  
2 gauging, Red-Legged Frog surveys, all types of surveys.

3           One of the main points that he wanted me to pass  
4 on today is there is generally the upper part of South Fork  
5 Battle Creek is really a very high-gradient, hostile  
6 environment for Yellow-Legged Frogs. As you saw earlier in  
7 Steve's presentation there is only 15 percent of the stream  
8 areas as pools and very shallow. It is Doug's professional  
9 opinion that between the heavy, boulder-dominated stream bed  
10 and very steep slopes and lack of overhanging vegetation it  
11 is not an optimal place for the Foothill Yellow-Legged  
12 Frogs. Now we do have one sighting of Yellow-Legged Frogs  
13 by Doug in 2006 that is an observation. He told me he was  
14 not able to actually pick up the frog but the reality is  
15 over the last ten years he has not seen any of the tadpoles,  
16 just another piece of evidence to take into consideration is  
17 the lack of him seeing any tadpoles in the bypass reach in  
18 the last 10 years, as well as Dr. Cramer's fish scientist  
19 team last July 3rd, 4th and 5th I believe, the very detailed  
20 habitat assessment survey of the entire stream section with  
21 3 or 4 biologists on that team, no frogs at all were seen in  
22 those three days. That was in July of last year.

23           Also, I was personally on the creek in September  
24 installing temperature probes September 4th and during that  
25 visit I did not see any frogs of any kind, Red or

1 Yellow-Legged Frogs. Another professional opinion by Doug  
2 Parkinson is the actual reduction in flows may actually be  
3 favorable to Foothill Yellow-Legged Frogs in this stretch  
4 because of the stream velocities, gradient, the  
5 boulder-dominated geomorphology of the stream, that actually  
6 reduction of the flows could make things more favorable for  
7 the Yellow-Legged Frog.

8           So at this point I believe the applicant, the  
9 study team believes that the PM&E measures that we have  
10 recommended and agreed to earlier are sufficient for  
11 protection of the Yellow-Legged Frog and any of the  
12 in-stream flow measurements that come out of Steve's study  
13 will be very protective of both the fish and the frogs.

14           I think that concludes my evidence on that issue.  
15 Any questions?

16           MR. MICHNICK: Do you know where the state has  
17 seen the frogs? There are multiple observations.

18           MR. BREWER: Yes, and I found that kind of  
19 curious. Here in California, Fish and Wildlife maintains  
20 the California Natural Diversity Database, which is kind of  
21 the Holy Gospel of where we keep special status species  
22 records; and one question I had for the Department of Fish  
23 and Wildlife was if they in fact have seen the yellow-legged  
24 frogs, why weren't they documented, mapped and recorded in  
25 the database record with GPS coordinates? Not that I am

1 questioning their sighting, I am just curious as to why they  
2 were not documented. That way, we would have known earlier  
3 in the process that they were an issue.

4 MR. MICHNICK: Are they documented in the  
5 database at all?

6 MR. BREWER: The Foothill Yellow-Legged Frog as  
7 you show on Figure 5-1 in exhibit E showed sightings of  
8 Yellow-Legged Frogs 18 miles downstream at the peach-knee  
9 and lower sections of the South Fork Battle Creek where we  
10 have lower gradient and the habitat conditions are much  
11 better, but that is very far downstream. The other notable  
12 point, too, is that Doug Parkinson and the Tetrattech team  
13 did a very detailed Red-Legged Frog site assessment study  
14 last year and did not find any Red-Legged Frogs in any of  
15 the habitat features. Those frogs prefer more ponded water,  
16 slower velocities. Speciation and habitat preferences are  
17 different for the Yellow-Legged versus the Red-Legged Frog.

18 MR. MICHNICK: Okay, thank you.

19 MR. BREWER: Thank you.

20 MR. HANSEN: I just wanted to jump in real quick.  
21 This is Ryan Hanson with FERC. Just on that last bullet for  
22 two new species I just wanted to say that several of us are  
23 aware that the FERC Environmental Analysis Document will  
24 also include an analysis of the effects of project  
25 construction and operation on the Central Valley Spring Road



1 Chinook Salmon as well as the Central Valley Steelhead  
2 trout, as well as the critical habitat for both of those  
3 animals which are in the project area. They were not  
4 specifically listed in this bullet but I just wanted to make  
5 sure everyone is aware that the NEPA document will include  
6 those analysis.

7 MR. BEECO: All right, so with recreation and  
8 land use we have not identified any reparation issues. For  
9 land use, effects of the project construction of new,  
10 permanent and temporary roads occurring during these  
11 practices.

12 AUDIENCE: When will it be evaluated?

13 MR. BEECO: Aesthetics, the effects of project  
14 construction, operation and maintenance on aesthetic  
15 resources in the vicinity of the project, cultural  
16 resources, the effects of cultural resources that are  
17 eligible or potentially eligible for the National Register  
18 of Historic places, socioeconomic, the effects of the  
19 project on the local economy, and developmental resources,  
20 the effects of the proposed or recommended protection,  
21 mitigation or enhancement measures on the Lassen Lodge  
22 Project economics.

23 So at this time we are also calling for updated  
24 requests for any comments or plans that have not yet been  
25 identified in the scoping document and any updates to the

1 mailing list. Both of those can be found in the scoping  
2 document on how to submit the comprehensive plans or submit  
3 your name and information to be put on the mailing list.

4           Again, for FERC, the comments on the SD1, on the  
5 scoping document 1 are due on December 5, 2014 and this is  
6 also the time when you can make comments on the application.  
7 So again, December 5th is the take home date and how to file  
8 this information is in the scoping document but all  
9 correspondence must clearly show that you are identifying  
10 your comments for the Lassen Lodge project and using the P-  
11 numbers as appropriate.

12           FERC has a number of online resources for people,  
13 including e-filing which we just mentioned, filing  
14 e-comments as well which does not require you to register or  
15 anything and then e-subscription. You can e-subscribe to  
16 the project. That way, anytime anything is put on the  
17 record filed through FERC you will get an automatic email  
18 about that which makes it really easy to keep updated on the  
19 project and access information, and e-library is also a  
20 resource to you that you can look up information on the  
21 project or even the project as it was in the past as well on  
22 the different project numbers earlier in the presentation.

23           So the last thing I will talk about before I hand  
24 it off to the Water Board is FERC is participating in a site  
25 visit to the project tomorrow which is public and agencies

1 are also invited to participate in. We will be leaving out  
2 of Red Bluff tomorrow. You were supposed to notify Mr.  
3 Charlie Kuffner by October 31, 2014 but if you are  
4 interested in going on that site visit and you have not  
5 registered yet, you can speak to Charlie and find out if  
6 there is any additional space.

7 So that is it for FERC and we will had it off to  
8 the Water Board.

9 MS. LOBO: Hi. My name is Michelle Lobo and I  
10 work for the State Water Resources Control Board in the  
11 division of water rates. I am the project manager of the  
12 State Water Board for the Lassen Lodge Hydroelectric  
13 Project. Today I plan to discuss some of the background  
14 information about the State Water Board including its  
15 mission and role regarding the California Environmental  
16 Quality Act or CEQA and the Water Quality Certification. I  
17 will also discuss the CEQA process, how the public can  
18 provide input, types of CEQA documents, environmental  
19 resources and the next steps and what to expect. So here is  
20 the State Water Board's Mission Statement followed by the  
21 State Water Board s website.

22 The State Water Board's mission is to preserve,  
23 enhance and restore the quality of California's water  
24 resources and ensure their proper allocation and efficient  
25 use for the benefit of present and future generations. The

1 State Water Board has authority over water rights and water  
2 quality to protect California's Water. The State Water  
3 Board protects and enforces many water uses including the  
4 needs of industry, agriculture, hydropower, municipal  
5 districts and the environment and must balance the various  
6 beneficial uses of water.

7 On May 20, 2014, the applicant Rugraw, LLC  
8 submitted an application for water quality certification to  
9 the State Water Board. The State Water Board regulates  
10 hydroelectric projects by issuing water quality  
11 certifications under section 401 of the Clean Water Act.  
12 Water quality certifications focus on protecting water  
13 quality, balancing the beneficial uses of water and  
14 considering the existing water rates.

15 Now we will talk a little bit about CEQA and how  
16 it relates to the water quality certification. Since the  
17 State Water Board would be making a discretionary decision  
18 about the water quality certification, the State Water Board  
19 must comply with CEQA. As Rugraw, LLC is not a public  
20 agency, the State Water Board is lead agency for CEQA and  
21 will decide the type of CEQA document to prepare and the  
22 level of Detail in that document. The State Water Board has  
23 independent judgment when approving or denying the issuance  
24 of water quality certification.

25 So the State Water Board will use the CEQA

1 document to develop an assessment of the project. The CEQA  
2 document will be used to support the action taken for the  
3 water quality certification if issued, including any  
4 conditions in the certification. The water quality  
5 certification applies to the construction of the project and  
6 the operation and maintenance of the project over the term  
7 of the Federal Energy Regulatory Commission license.

8           If a water quality certification is issued, the  
9 conditions in it become a mandatory part of the FERC  
10 license. Nothing in the water quality certification can  
11 preempt federal law, is additive to any conditions FERC  
12 places on the project.

13           Today and throughout the comment period, the  
14 State Water Board is seeking comments on the type of CEQA  
15 documents that should be prepared, the impacts that should  
16 be analyzed, and project alternatives. So the objectives of  
17 CEQA include the following, disclosed to the decision makes  
18 and the public:

19           The reason for the significant environmental  
20 effects of proposed activities, identify ways to avoid or  
21 reduce environmental damage, prevent environmental damage by  
22 requiring the implementation of feasible alternatives or  
23 mitigation measures, disclose to the public reasons for  
24 agency approval of projects with significant environmental  
25 effects, foster interagency coordination in reviewed

1 projects and enhance public participation in the planning  
2 process.

3 Our plan for the CEQA process is to collect  
4 written and verbal comments then determine the type of CEQA  
5 document to prepare, issue a draft CEQA document for public  
6 comment and then issue a final CEQA document. There will be  
7 a public review and comment period for the draft CEQA  
8 document. The State Water Board plans on releasing a draft  
9 Water Quality Certification at the same time as the draft  
10 CEQA document.

11 The State Water Board decided that this project  
12 is not exempt from CEQA, so an exemption does not apply.  
13 The State Water Board plans to prepare 1 of 3 types of CEQA  
14 documents; a negative declaration, a mitigated negative  
15 declaration or an environmental impact report called an EIR  
16 for short. This meeting will serve as the CEQA scoping  
17 meeting if the State Water Board determines any EIR is  
18 needed.

19 Again, as part of the comments requested, as part  
20 of this meeting and in the notice, the State Water Board is  
21 seeking input on the type of CEQA document to be prepared.  
22 If you recommend preparation of an EIR, please provide an  
23 explanation of the significant effects that you think may  
24 occur. At a minimum, the environmental document will  
25 evaluate the environmental resources listed on this slide as

1 required by CEQA. If the State Water Board prepares an EIR,  
2 the EIR will also address growth-inducing impacts,  
3 cumulative impacts and significant unavoidable impacts if  
4 there are any.

5 We are accepting written comments until 2:00 p.m.  
6 PST on Friday December 5, 2014 regarding the type of CEQA  
7 document that the State Water Board should prepare such as a  
8 negative declaration, mitigated negative declaration or EIR.  
9 This presentation is posted to the Lassen Lodge  
10 Hydroelectric Project Webpage. State Water Board staff will  
11 work with a consultant to develop a draft CEQA document  
12 based on the existing information and any comments  
13 collected. There will be a public comment period for the  
14 draft CEQA document.

15 Additional information is available on the State  
16 Water Board's web page for the Lassen Lodge Hydroelectric  
17 Project. You may sign up online to receive email updates  
18 related to the project and Water Quality Certification  
19 Program. For signup, go to the webpage noted in the slide.  
20 Select State Water Resources Control Board and then enter  
21 your email address and full name. Under the categories on  
22 the same page below, select Water Rights. Next, select the  
23 box for Water Quality Certification and that is the last  
24 box, and click the subscribe button at the top.

25 Again, as a reminder, the comment period ends

1 Friday, December 5th, 2014. Are there any questions or  
2 comments at this time? We have a microphone here at another  
3 podium but we also have a roaming microphone for anyone that  
4 wants it. Thank you.

5 MR. BEECO: Just to be clear, at this time  
6 questions or comments or anything that FERC has presented,  
7 the Water Board has presented or the Licensee has presented,  
8 any questions at all and anything in the project.

9 Just so everybody knows, there are no comments  
10 from anyone online either. At this time, we will conclude  
11 this government meeting and we will see most of you if not  
12 all of you tonight at Red Bluff.

13 MS. LOBO: Thank you, everyone. Good-bye.

14 (Whereupon, at 9:55 a.m., the scoping meeting  
15 concluded.)

16

17

18

19

20

21

22

23

24

25



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

FEDERAL ENERGY REGULATORY COMMISSION

Joint Meeting With

CALIFORNIA STATE WATER RESOURCES CONTROL BOARD

- - - - - x

Rugraw, LLC Project No. 12496-002

- - - - - x

LASSEN LODGE HYDROELECTRIC PROJECT - Morning Meeting

Cal/EPA Building

1001 I Street

Sacramento California 95814

Wednesday, November 5, 2014

The morning scoping meeting, pursuant to notice,  
convened  
at 9:10 a.m., before a joint Staff Panel:

MICHELE LOBO, California State Water Resources  
Control Board

ADAM BEECO, Project Coordinator, Federal Energy  
Regulatory Commission

CLAIRE McGRATH, FERC

RYAN HANSEN, FERC

ALAN MITCHNICK, FERC

STEVE CRAMER, Cramer Fish Sciences

with:

CHARLIE KUFFNER, Rugraw, LLC



## 1 P R O C E E D I N G S

a.m.)

2 (9

3 MS. LOBO: Good morning and welcome to the joint  
4 environmental scoping meeting for the Lassen Lodge  
5 Hydroelectric Project, which is being held by the Federal  
6 Energy Regulatory Commission and the State Water Resources  
7 Control Board. My name is Michelle Lobo and I work for the  
8 State Water Resources Control Board.

9 For those unfamiliar with this building, we have  
10 a few housekeeping details to go over. The drinking  
11 fountain and restrooms are located out of the doors at the  
12 back of the room, go left and then left again and the  
13 restrooms and drinking fountains will be on your right.  
14 Food service is available in the building on the 1st floor.  
15 Take the stairs or the elevator to the first floor and the  
16 cafe is located across the lobby from the security desk in  
17 the main lobby. The cafe only takes cash.

at

18 As you might imagine, we also strongly encourage  
19 recycling efforts in this building. Please look for the  
20 green and tan 3-in-1 containers located outside the doors  
21 the back of the room to recycle your papers, cans and  
22 bottles. Please look around you now and identify the two  
23 exits closest to you. In some cases an exit may be behind  
24 you. In the event of a fire alarm, we are required to

25 evacuate the building. Please take your valuables with you

1 and do not use the elevators. Staff will assist you to the  
2 nearest exit. You may also find an exit door by following  
3 the ceiling-mounted exit signs. Proceed down the stairways  
4 to a reconvening site across the street in Cesar Chavez  
5 Park. If you cannot use the stairs you will be directed to  
6 a protected vestibule inside the stairwell. Please obey  
7 traffic signals and exercise caution crossing the street.

all

8 Meeting materials are located on the tables at  
9 the back of the room. Please sign the attendance sheet so  
10 we have a record of who attended this meeting. If you

would

11 like to speak, print your name on a blue card like this one  
12 and hand it to the court reporter on the right side when  
13 come up to the podium during the question/comment period.  
14 This will assist the court reporter with the correct  
15 spelling of your name.

you

16 This meeting is being webcast so please be sure  
17 to speak clearly into the microphone. If you would like to  
18 comment but do not plan to speak, put the blue card in the  
19 box at the back of the room. For those of you

participating

20 via the webcast, you may submit comments or questions

during

21 this meeting to [auditorium@calepa.ca.gov](mailto:auditorium@calepa.ca.gov) and we will share  
22 your comments during this meeting. This email address also  
23 appears on the video screen at the webcast.

24                                    Please join me in welcoming Adam Beeco with the  
25    Federal Energy Regulatory Commission to get the meeting

1 underway. Thank you.

2 MR. BEECO: Hello. My name is Adam Beeco and I  
3 am with the Federal Energy Regulatory Commission. This is,  
4 again as Michelle said, the joint scoping meeting for the  
5 Lassen Lodge Hydroelectric Project for FERC as well as for  
6 the California State Water Resource Control Board.

7 The meeting agenda, there are just a few folks  
8 here so we will do some introductions. I think we will  
just  
9 have everybody introduce themselves. We will talk about  
why  
10 we are here, the project, the licensing process that is  
used  
11 by FERC, the proposed project, some of the issues in  
scoping  
12 that have been identified by FERC and we will have some  
13 comments, discussions and questions at the very end.  
Before  
14 we get to introductions, I am going to ask that you all  
15 stand, face the flag and we will state the #Pledge of  
16 Allegiance.

17 [Pledge of Allegiance]

18 MR. BEECO: We will start with introductions.  
19 Just give your name and the agency which you are affiliated  
20 with. Again, my name is Adam and I am with FERC. I am the  
21 project coordinator for this project.

22 MS. LOBO: Michelle Lobo and I am with the State  
23 Water Resources Control Board.

24 MR. HANSEN: Hi. Ryan Hansen of the Federal  
25 Energy Regulatory Commission.



1 MS. MCGRATH: Claire McGrath with the Federal  
2 Energy Regulatory Commission.

3 MR. BEECO: Dan is our court reporter.

4 MR. TOMPKINS: Jim Tompkins with Rugraw LLC.

5 MR. LEAPLEY: Phil Leapley with Tetratech.

6 MS. HOWELL: Virginia Howell with Tetratech.

7 MR. CRAMER: Steve Cramer of Cramer Fish  
8 Sciences, which sub to Tetratech.

9 MR. BREWER: Good morning. I am Doug Brewer of  
10 Brewer Environmental consulting and sub consult to  
11 Tetratech.

12 MR. KUFFNER: I am Charlie Kuffner with Rugraw,  
13 LLC. We are the applicant.

14 MS. MATAVAZI: Emily Morazavi, State Water  
Board.

15 MR. MICHNICK: Alan Michnick with Federal Energy  
16 Regulatory Commission.

17 MR. BARNES: Peter Barnes with the State Water  
18 Board.

19 MR. BIONDI: Oscar Biondi, State Water Board.

20 MS. VALEJOS: Ann Tiabi Valejos, State Water  
21 Board.

22 MR. BEECO: Thank you for those introductions.  
23 Just so you know, we have some folks joining us through a  
24 webcast as well. Do we know who those people are?

25 MS. LOBO: Via webcast I think there is Erin



1 Regazzi with the State Water Board and Nicole Delamar with  
2 the State Water Board, and Brianna Dressier with the State  
3 Water Board.

4 MR. BEECO: So it sounds like there are some  
5 Water Board folks, some folks with the applicant and FERC.  
6 So, this will probably be a rather quick meeting but we

have

7 some folks that may be joining us within the next few  
8 minutes. We will go ahead and keep moving forward.

9 All right, so the Federal Energy Regulatory  
10 Commission is a federal agency responsible for oversight of  
11 non-federally operated hydroelectric projects and Rugraw,  
12 LLC has filed an application to construct, operate and  
13 maintain the Lassen Lodge Hydroelectric Project. FERC has  
14 reviewed the application and we have identified specific  
15 resource issues that may be affected by the project that we  
16 will be considering in our review of the application and we  
17 are holding this scoping meeting to hear comments from the  
18 public as well as agencies about the project and resources  
19 that may be affected if the license is granted.

20 So, project history. This project has been  
21 around a while but it has changed a lot so we just wanted  
22 to  
23 make sure everybody was aware of that. It had a different  
24 project number when it was originally filed in 1994. There  
have been some changes since then and the application was

25 dismissed in 1999. Licensing began again in 2001 under a

1 separate licensing process and in 2007 that licensing  
2 process was changed to what we are currently using, which  
we  
3 will talk about in a minute, the traditional licensing  
4 process of the TLP. The license application was filed  
again  
5 on April 21, 2014 and this is a current license  
application.

6 This is the application that is under review now.

7 So all of the past licensing processes, though  
8 the studies may be relevant the application is no longer  
9 relevant. A little bit about the licensing process, the  
10 TLP. FERC has a number of different licensing processes,  
11 but the traditional process begins with the application  
file  
12 which happened in April. Then we go through a  
13 study/plan/development phase which we will talk a little  
bit  
14 about and then we go through scoping which is what we are  
15 currently doing now. Then study reports are filed and once  
16 FERC has determined that we have enough information to  
17 evaluate the project and the resources that may be  
impacted,  
18 we will issue what is called an REA notice or Ready for  
19 Environmental Analysis notice. After that, when we have  
20 determined we have the information, we will begin to write  
21 our analysis.

22 We will have a draft for this project as well as

23 a final EA and then at a later date we will come with an  
24 order on whether or not to license the project.

25 Just to keep everybody up to date, again the

1 license for application was filed on April 21, 2014. FERC  
2 issued a need for additional studies on October 3, 2014.  
3 The study plans are due in December 2, 2014 and those  
4 required studies were the temperature modeling and several  
5 transport modeling studies. Hopefully, today there was an  
6 additional request for a study on the Foothill Yellow-  
legged  
7 Frog and hopefully today or tonight we will be discussing  
8 whether or not to move forward with that study. We wanted  
a  
9 little additional information about that study request. So  
10 scoping, again that is what we are here for today. It is  
11 not just these meetings, you can also file comments but we  
12 issued a scoping document on October 3rd which is available  
13 in the back if you have not already picked that up. We  
will  
14 be taking comments today. Any other comments can be filed  
15 with FERC and we will talk about how to do that later in  
the  
16 presentation by December 5, 2014. That is the important  
17 date there is December 5, 2014 and tomorrow there is a site  
18 visit to the proposed site of the project.

19           Again, as I mentioned with the REA, FERC will  
20 issue a ready for environmental analysis notice indicating  
21 that we have enough information to evaluate the effects of  
22 the project. At this time, I am going to have the licensee  
23 present their presentation on some of the facilities of the

24 proposed action for the project.

25 MR. CRAMER: Good morning. My name is Steve



1 Cramer. I am the fisheries scientist at work on this  
2 project on behalf of Rugraw. Our firm is Cramer Fish  
3 Sciences. I am going to go through an orientation to what  
4 the project has in particular being a scientist interested  
5 in fish I will probably give that a little more emphasis.

I

6 will show you a few pictures so you will have a sense of  
7 what the project area looks like, refer you to some maps  
and  
8 had-outs that are here as well so this is a fairly quick  
9 orientation.

10 First of all, there are a couple of really  
11 prominent features in the river that are notable and are  
the  
12 bookends to where the project area is. Angel Falls is one  
13 to talk about. This is a picture that we actually took,  
all  
14 our crews were out there earlier on a survey. That report  
15 has been included in the application documents. This was  
16 taken July 4, 2014, flow was 19 cfs at the bridge above  
17 Angel Falls and so this should be about 19 cfs coming from  
18 the falls at that time. So that is a real notable place  
19 that is below the proposed intake for the water. It is  
20 halfway between that feature, Angel Falls and Panther  
Grade.

21 This feature that I am showing you here is where the  
22 powerhouse is and would return offload to the stream.

23 Panther Grade here is shown. You will see the

24 note at the bottom of the picture is June 14, 2013. So the  
25 flow is higher than 19cfs at that time so this gives you a

1 kind of sense of its size. That is me standing down, kind  
2 of halfway up the grade. That is what those features look  
3 like. Here on a map it shows exactly where you would find  
4 the particular features. The right side of this map is the  
5 upstream edge and it shows you the diversion is at about

23.

6 I showed you Angel Falls is marked on this map at about  
7 22.2, and there is gauging data that would be used on this  
8 thing also at the upper end there is at Highway Bridge 26  
9 which is near about 22.5. Angel Falls then is 0.8 of a  
mile  
10 below where the proposed intake would be placed.

11 Then as we move down to the area that is marked  
12 in red on the stream is actually the project reach. Note  
13 that it ends well above the previous feature I showed you  
on

14 Panther Grade. That one is at 18.9 but the powerhouse is  
15 going to be upstream by almost about a mile and a half.  
16 Then right below Panther Grade, Panther Creek enters. So  
17 this is notable. A couple of important things we will

touch

18 on briefly indicate that there is a substantial difference  
19 in the ability of the stream to support fish life and in  
20 particular anadromous fish life. Below low Panther Grade  
21 that is quite different than what there is above Panther  
22 Grade in terms of the summer.

23 Let us just look at the project team here so we

24 know that there are experts that Rugraw has retained to

25 answer the questions that might arise with this. First of

1 all, I am sorry the white printing here is not showing up  
2 well. But, at any rate, the applicant Rugraw has with us  
3 here today Charlie Kuffner who is the president and Jim  
4 Tomkins the project engineer. They are down in front if  
5 anybody would like to talk with them.

6 The principal consultant leading the team for  
7 studies is Tetrattech. Virginia Howell is project manager,  
8 Phil Leapley is the coordinator and they are both up here  
in  
9 the front row today. Karen Roonconvey, if I am saying her  
10 name right, is the person who has got terrestrial botanical  
11 resources. Jim Farrell will be handling the historical and  
12 archeological issues. Rachel Katz is handling  
socioeconomic  
13 recreational facilities, those kinds of things. Below  
that,  
14 you see who the supporting firms are. I am Steve Cramer  
and  
15 that is the fisheries elements.

16 We initially had a process in the application  
17 where the application was reviewed by, we received review  
18 comments from California Fish and Game, National Fishery  
19 Service and the State Water Control Board at that point  
20 identified several issues that further information was  
21 requested upon. That was when a special request was made  
by  
22 I think the Water Control Board, and then was further  
echoed

23 by FERC that there would be studies to look at temperature  
24 modeling within the project effects area and sediment  
25 transport within the project effects area.

1           At that point we brought on, we felt it was  
2 absolutely best to do those kind of things so we brought in  
3 Waterforce Engineering and that is Michael Diaz, PhD. I  
4 have worked with him in the past and he is an exceptional  
5 scientist and a real pleasant guy to work with. Then he in  
6 turn said that the people he works with who are great on  
7 issues of sediment transport would be Northwest Hydraulic  
8 Consultants. Dr. Bob McArthur is on our team there. This  
9 is a team of folks who has high regard for one another and  
10 have a lot of experience in this area.

11           Doug Parkinson is on this list. He is a guy who  
12 has done a whole lot of field work and you will see him in  
13 one of the pictures I will show here. Lynn Compass is a  
14 senior archeologist and we have with us Doug Brewer, and he  
15 has got wildlife, water quality issues and things of that  
16 nature.

17           Again, one of the things that came up as we saw  
18 on remarks of the Panther Grade that had been identified  
19 debated on whether or not it was really a fish passage  
20 barrier. There was reason to stand beside it, I stood  
21 beside it and thought well, it could be my imagination.  
22 There could be potential passage there at the right flow  
23 it would be some very high flow and we do not know what

the

as,

and

that

24 was. So California Fish and Game filed a statement that  
25 they believed it was passable at some flow and should be



1 treated that way.

2 This seemed reasonably appropriate and so later  
3 in years finally another study was commissioned. We  
4 actually went out and measured it. That is available I  
5 think in the filing documents as well but this took  
6 measurements clear up to 100 cfs and you see in this  
picture  
7 one crazy guy standing in the middle of the stream  
measuring  
8 the depths of the jump pools. Just so you know, jump  
pools,  
9 the way that US fish and Wildlife service and others, there  
10 is a very standard procedure for measuring passability.

11 The depth of the pool below a jump needs to be  
12 1.25 times as deep as the height they have got to jump. So  
13 in other words, if you have to jump 6 feet in like an 8-  
foot  
14 pool below to give the fish enough ability to jump that  
15 6-foot jump. You would see the measurements of Panther  
16 Grade at any rate. At the various flows it has been  
17 measured now at 24cfs, at 100cfs, and at 180cfs in this  
18 picture and at all of those it was not anywhere near  
19 passable. Various routes were measured across and it was  
20 completely inadequate jump pools all the way across. That  
21 does not mean it would never get there at some higher flow  
22 but we don't know what that flow is but it was not  
23 approaching passability at 180cfs.

24                    That is only a point because this feature is 1.6  
25   miles below the powerhouse so all project flow would have

1 been returned at a whole mild and a half upstream before it  
2 even gets here but this would limit access at any time to  
3 even get into the project breach.

4           There is more to that story that I will touch on  
5 in a second. Here is just a quick picture to show you we  
6 have done fishery studies and those can be found in the  
7 application. One of the notable things we found is we did  
8 this survey with flow at the time was 13 cfs. This was in  
9 July of 2013. Here we see a picture of a pool. There are

a

10 few pools up there and they become a key limiting factor in  
11 the operation and the ability of the fish to use that area.  
12 Fifteen percent of the area in the bypass reach, that would  
13 be below Angel Falls down to the powerhouse where all flow  
14 would return, the pools only come to about 15 percent.

15           Here is why that matters, because the other 85  
16 percent is primarily ripples and rapids. Here you see a  
17 picture taken this fall in October. This is even below the  
18 powerhouse so this is before they even get the project  
19 reach, because of the absence of spring flow coming in

which

20 does turn out to off-come in the Panther Grade and down to  
21 Panther Creek. You have very little flow in the stream  
22 channel and if there is not at least 6 inches deep fish

that

23 are any more than 4-5 inches long will not inhabit that,

24 they will avoid that. This leaves them highly vulnerable  
to  
25 birds, raccoons, any kind of surface predators; so we have

1 way too shallow water and a real rugged place to get. That  
2 becomes pretty inhospitable and rearing habitat strongly  
3 limits what fish can survive above, well, within the  
project  
4 reach.

5           There are a couple of new studies in progress  
6 just to give you an idea of what they are right here. As  
7 requested, we are in the middle of developing a temperature  
8 simulation model. That first step is to get review by the  
9 agencies and approval but we are on the right course and we  
10 are in that process now. We have developed a synthetic  
11 temperature flow record that would feed into the assessment  
12 of both the sediment and of the temperature and that is in  
13 process now. Sediment transport study as requested by FERC  
14 is also in process and again, Northwest Hydraulic  
15 Consultants is doing that.

16           Then once those pieces are done, the information  
17 gained with the input into a simulation model we have for  
18 fish that would model their response as it changes habitat  
19 and affects how many fish would inhabit here, what fish  
20 could be supported, and what life stages might be at risk.  
other  
21 That, too, would happen for the yellow-legged frog and  
22 wildlife and aquatic resources in the area.

23           There are some interesting findings to date. So  
24 there are just a couple to touch on you will find in the

25 information. Recently was filed the base-flow study. A

1 remarkable finding really this year, we know that Panther  
2 Creek is famed for its spring inflows to cool water and  
3 abundant flows that are sustainable throughout the summer  
4 and the good news is that does exist in the South Fork  
area.

5 The surprise is that spring flow is absent in the bypass  
6 area and the entire stream bed dried up this year for  
7 several months of the summer. There was no flow at all  
8 whatsoever over Angel Falls.

9 A half of a cfs starts to come in about a  
quarter  
10 mile above the powerhouse location, so that is only one-  
half  
11 of a cfs. It is only about 1.5cfs by the time it reaches  
12 Panther Grade, so you have very little flow and then  
13 substantial flow starts to come in at Panther Grade and  
then  
14 in multiple springs between Panther Grade and Panther  
Creek,  
15 and that is about a half-mile stretch in there. That  
16 stretch, by the time you get to the mouth of Panther Creek  
17 there is 28cfs. It is good, cold water. The springs are  
18 coming in so we do have the spring water to support the  
19 strong fish life even in the worst of droughts and that  
20 water is coming in from Panther Grade to Panther Creek so  
21 that is a mile and a half below the lower limit of the  
22 project.

23 Some retention flow is substantially better for

24 that reason because of those springs below Panther Grade

25 than they are above. Panther Grade, as I just showed you,



1 the passage measurements that were actually made confirm it  
2 is not passable at least up to 180cfs. Fish remaining in  
3 habitat bypass reach is strong but limited by the low flow  
4 as far as pools this year. The fish that were there all  
5 died. All pools drained. There were only a couple of  
6 residual pools that retained water and the water quality  
7 were quite poor. There was dead fish and bird and animal  
8 tracks all around licking off whatever they could so it was  
9 not a good place to be. Also, the record shows that this  
10 has happened in the past just based upon flows we had seen  
11 at the upper end above and right near the project intake.

12 Habitat in the bypass reach is poorly fit for  
13 spring Chinook if they were to arrive in the spring and  
have  
14 to hold through the summer. There is very little holding  
15 habitat and especially late in the summer, and they would  
16 spawn right at this low-flow and I will show you some  
17 pictures there. In low seasons there will be no water  
they,  
18 no fish will not be able to spawn there. In good years,  
19 there could be water there but of course they would have to  
20 get up to Panther Grade.

21 So, those are just some interesting findings  
from  
22 our studies to date and a whole lot more is coming. That  
23 concludes what I would have to say. Let me also say, I did  
24 think I said, there is a whole bunch of maps posted up in

25 back and not just maps but diagrams and features of the

1 actual project facilities and there are maps available so  
2 you can look at the project area in the handouts.

3 MR. BEECO: Thank you. We here at FERC are now  
4 going to basically run through the scoping document and go  
5 issue by issue that we have identified on our evaluation of  
6 the application. We will go ahead and run through that.

7 The purpose of scoping is to identify issues,  
8 identify reasonable alternatives, identify any available  
9 information or study needs that we may or may not be aware  
10 of, identify cumulative issues and the geographic temporal  
11 scope of those issues and also a site visit. As far as  
12 cumulative effect goes, the only thing that FERC has  
13 identified thus far is aquatic resources and the geographic  
14 scope that we have identified is from the South Fork of  
15 Battle Creek to the confluence of the North fork of Battle  
16 Creek. The preliminary resources, they are listed here.

We

17 will have a slide for each one of these. For geology and  
18 soils one of the things we will anticipate on evaluating is  
19 the effects of project construction on erosion and  
20 sedimentation of project lands. For aquatic resources, I  
21 will have Claire McGrath read through those, Claire.

22 MS. MCGRATH: Some of the probable effects we  
23 have identified for aquatic resources are the effects of  
24 actual project construction, the in-water work and  
25 excavation on water quality. This includes potential



1 effects on temperature, dissolved oxygen and turbidity  
2 around this construction site, effects of project  
3 construction activities on the potential release of  
4 contaminants which could include fuel lubricants and other  
5 wastes into the project waters and also effects of the  
6 project construction activities on fisheries and aquatic  
7 habitat downstream of any construction work.

8           The effects of project operation on water  
quality  
9 in the south fork of Battle Creek are identified. There  
are  
10 potential effects of project operation including ramping  
11 during startup and shutdown and minimum-flow releases on  
12 fisheries and aquatic resources in south fork Battle Creek  
13 in the bypass region; and effects of bypass operation  
14 facilities on upstream and downstream fish passage  
including  
15 entrainment and turbine mortality.

16           MR. BEECO: All right, and for the terrestrial  
17 resources we will have Alan Michnick.

18           MR. MICHNICK: The first effect we have  
identified  
19 is habitat related effects, the effect of project  
20 construction, operation and maintenance on vegetation  
21 including habitat loss, habitat degradation, fragmentation  
22 and the associated effects to wildlife populations. We  
have  
23 an issue of invasive species, the project construction,

24 operation and maintenance and recreation on invasive plant  
25 species. We have an issue of stress effects on wildlife

project  
the

1 populations (next slide), effect of construction and  
2 operation on wetlands and riparian habitat. Now we have  
3 disturbance effects, the stress-related effects to wildlife  
4 populations from noise, construction activities, human  
5 presence including helicopter use, and also we have an  
6 effect on special status wildlife species.

7 In particular, the Foothill Yellow-Legged Frog  
8 from construction, operation and project maintenance.

9 We have identified one federally listed species  
10 that could potentially be affected by the project and that  
11 is the California Red-Legged Frog. Okay, now to talk about  
12 the Yellow-Legged Frog. The Foothill Yellow-Legged Frog is  
13 not federally listed under the Federal Status Species of  
14 concern.

wanted

15 Cal Fish and Wildlife did provide a study  
16 request. They wanted a survey done of breeding habitat of  
17 breeding frogs. This is a new issue and that is why we  
18 wanted to talk a little bit about it so hopefully the  
19 applicant could provide some information. We sort of  
20 to better understand why the issue might have come up later  
21 in the process. Is it because of sightings that Cal Fish  
22 and Wildlife has provided that they were not aware of  
23 beforehand so that would certainly help us get a better  
24 understanding of the issue and why it is sort of cropped up

25 at the last second? Also, maybe what sort of information  
we



I 1 have on existing habitat, potential habitat for the frog?  
2 mean, do we have any information on just the habitat  
3 features in the bypass reach that could be suitable for the  
4 Yellow-Legged Frog and perhaps just some insight into the  
5 use of the drainage by the Yellow-Legged Frog?

we 6 Cal Fish and Wildlife is not here so hopefully  
7 will have an opportunity to talk to them about this issue  
8 either tonight or maybe later on. I open it up to the  
9 applicant, if they have any sort of insight into this issue  
10 that might be helpful.

Michelle? 11 MR. BREWER: You want me to go up here,

12 MS. LOBO: You can go right here.

13 MR. BREWER: Oh, Okay. Hello?

14 I was going to say I will just go up to the  
15 podium.

16 First of all, there is a tremendous amount of  
17 data available to do an impact assessment for the  
18 Yellow-Legged frog and the Red-Legged Frog. Again, my name  
19 is Doug Brewer and I am with Brewer Environmental  
consulting  
20 as a sub to Tetrattech and I am going to be presenting  
21 numerous points of evidence as to why we really do not need  
22 to do any more technical study for Red-Legged Frog or the  
23 Yellow-Legged Frog. A lot of this comes from the work of

24 Doug Parkinson who has been studying the river for over

25 10-11 years, since 1996. Doug has spent more time on that

1 creek than anyone on the study team, doing stream-flow  
2 gauging, Red-Legged Frog surveys, all types of surveys.

3 One of the main points that he wanted me to pass  
4 on today is there is generally the upper part of South Fork  
5 Battle Creek is really a very high-gradient, hostile  
6 environment for Yellow-Legged Frogs. As you saw earlier in  
7 Steve's presentation there is only 15 percent of the stream  
8 areas as pools and very shallow. It is Doug's professional  
9 opinion that between the heavy, boulder-dominated stream

bed

10 and very steep slopes and lack of overhanging vegetation it  
11 is not an optimal place for the Foothill Yellow-Legged  
12 Frogs. Now we do have one sighting of Yellow-Legged Frogs  
13 by Doug in 2006 that is an observation. He told me he was  
14 not able to actually pick up the frog but the reality is  
15 over the last ten years he has not seen any of the

tadpoles,

16 just another piece of evidence to take into consideration

is

17 the lack of him seeing any tadpoles in the bypass reach in  
18 the last 10 years, as well as Dr. Cramer's fish scientist  
19 team last July 3rd, 4th and 5th I believe, the very

detailed

20 habitat assessment survey of the entire stream section with  
21 3 or 4 biologists on that team, no frogs at all were seen  
22 those three days. That was in July of last year.

in

23 Also, I was personally on the creek in September

24 installing temperature probes September 4th and during that  
25 visit I did not see any frogs of any kind, Red or

1 Yellow-Legged Frogs. Another professional opinion by Doug  
2 Parkinson is the actual reduction in flows may actually be  
3 favorable to Foothill Yellow-Legged Frogs in this stretch  
4 because of the stream velocities, gradient, the  
5 boulder-dominated geomorphology of the stream, that  
actually  
6 reduction of the flows could make things more favorable for  
7 the Yellow-Legged Frog.

8 So at this point I believe the applicant, the  
9 study team believes that the PM&E measures that we have  
10 recommended and agreed to earlier are sufficient for  
11 protection of the Yellow-Legged Frog and any of the  
12 in-stream flow measurements that come out of Steve's study  
13 will be very protective of both the fish and the frogs.

14 I think that concludes my evidence on that  
issue.

15 Any questions?

16 MR. MICHNICK: Do you know where the state has  
17 seen the frogs? There are multiple observations.

18 MR. BREWER: Yes, and I found that kind of  
19 curious. Here in California, Fish and Wildlife maintains  
20 the California Natural Diversity Database, which is kind of  
21 the Holy Gospel of where we keep special status species  
22 records; and one question I had for the Department of Fish  
23 and Wildlife was if they in fact have seen the yellow-  
legged  
24 frogs, why weren't they documented, mapped and recorded in

25 the database record with GPS coordinates? Not that I am

they 1 questioning their sighting, I am just curious as to why  
2 were not documented. That way, we would have known earlier  
3 in the process that they were an issue.

4 MR. MICHNICK: Are they documented in the  
5 database at all?

6 MR. BREWER: The Foothill Yellow-Legged Frog as  
7 you show on Figure 5-1 in exhibit E showed sightings of  
8 Yellow-Legged Frogs 18 miles downstream at the peach-knee  
9 and lower sections of the South Fork Battle Creek where we  
10 have lower gradient and the habitat conditions are much  
11 better, but that is very far downstream. The other notable  
12 point, too, is that Doug Parkinson and the Tetrattech team  
13 did a very detailed Red-Legged Frog site assessment study  
14 last year and did not find any Red-Legged Frogs in any of  
15 the habitat features. Those frogs prefer more ponded  
water,  
16 slower velocities. Speciation and habitat preferences are  
17 different for the Yellow-Legged versus the Red-Legged Frog.

18 MR. MICHNICK: Okay, thank you.

19 MR. BREWER: Thank you.

20 MR. HANSEN: I just wanted to jump in real  
quick.

21 This is Ryan Hanson with FERC. Just on that last bullet  
for  
22 two new species I just wanted to say that several of us are  
23 aware that the FERC Environmental Analysis Document will

Road

24 also include an analysis of the effects of project  
25 construction and operation on the Central Valley Spring



make

1 Chinook Salmon as well as the Central Valley Steelhead  
2 trout, as well as the critical habitat for both of those  
3 animals which are in the project area. They were not  
4 specifically listed in this bullet but I just wanted to  
5 sure everyone is aware that the NEPA document will include  
6 those analysis.

7 MR. BEECO: All right, so with recreation and  
8 land use we have not identified any reparation issues. For  
9 land use, effects of the project construction of new,  
10 permanent and temporary roads occurring during these  
11 practices.

12 AUDIENCE: When will it be evaluated?

13 MR. BEECO: Aesthetics, the effects of project  
14 construction, operation and maintenance on aesthetic  
15 resources in the vicinity of the project, cultural  
16 resources, the effects of cultural resources that are  
17 eligible or potentially eligible for the National Register  
18 of Historic places, socioeconomics, the effects of the  
19 project on the local economy, and developmental resources,  
20 the effects of the proposed or recommended protection,  
21 mitigation or enhancement measures on the Lassen Lodge  
22 Project economics.

23 So at this time we are also calling for updated  
24 requests for any comments or plans that have not yet been  
25 identified in the scoping document and any updates to the



1 mailing list. Both of those can be found in the scoping  
2 document on how to submit the comprehensive plans or submit  
3 your name and information to be put on the mailing list.

4           Again, for FERC, the comments on the SD1, on the  
5 scoping document 1 are due on December 5, 2014 and this is  
6 also the time when you can make comments on the  
application.

7 So again, December 5th is the take home date and how to  
file  
8 this information is in the scoping document but all  
9 correspondence must clearly show that you are identifying  
10 your comments for the Lassen Lodge project and using the P-  
11 numbers as appropriate.

12           FERC has a number of online resources for  
people,  
13 including e-filing which we just mentioned, filing  
14 e-comments as well which does not require you to register  
or  
15 anything and then e-subscription. You can e-subscribe to  
16 the project. That way, anytime anything is put on the  
17 record filed through FERC you will get an automatic email  
18 about that which makes it really easy to keep updated on  
the  
19 project and access information, and e-library is also a  
20 resource to you that you can look up information on the  
21 project or even the project as it was in the past as well  
on  
22 the different project numbers earlier in the presentation.

hand 23 So the last thing I will talk about before I  
24 it off to the Water Board is FERC is participating in a  
site 25 visit to the project tomorrow which is public and agencies

1 are also invited to participate in. We will be leaving out  
2 of Red Bluff tomorrow. You were supposed to notify Mr.  
3 Charlie Kuffner by October 31, 2014 but if you are  
4 interested in going on that site visit and you have not  
5 registered yet, you can speak to Charlie and find out if  
6 there is any additional space.

7 So that is it for FERC and we will had it off to  
8 the Water Board.

9 MS. LOBO: Hi. My name is Michelle Lobo and I  
10 work for the State Water Resources Control Board in the  
11 division of water rates. I am the project manager of the  
12 State Water Board for the Lassen Lodge Hydroelectric  
13 Project. Today I plan to discuss some of the background  
14 information about the State Water Board including its  
15 mission and role regarding the California Environmental  
16 Quality Act or CEQA and the Water Quality Certification. I  
17 will also discuss the CEQA process, how the public can  
18 provide input, types of CEQA documents, environmental  
19 resources and the next steps and what to expect. So here  
is  
20 the State Water Board's Mission Statement followed by the  
21 State Water Board s website.

22 The State Water Board's mission is to preserve,  
23 enhance and restore the quality of California's water  
24 resources and ensure their proper allocation and efficient  
25 use for the benefit of present and future generations. The



1 State Water Board has authority over water rights and water  
2 quality to protect California's Water. The State Water  
3 Board protects and enforces many water uses including the  
4 needs of industry, agriculture, hydropower, municipal  
5 districts and the environment and must balance the various  
6 beneficial uses of water.

7 On May 20, 2014, the applicant Rugraw, LLC  
8 submitted an application for water quality certification to  
9 the State Water Board. The State Water Board regulates  
10 hydroelectric projects by issuing water quality  
11 certifications under section 401 of the Clean Water Act.  
12 Water quality certifications focus on protecting water  
13 quality, balancing the beneficial uses of water and  
14 considering the existing water rates.

15 Now we will talk a little bit about CEQA and how  
16 it relates to the water quality certification. Since the  
17 State Water Board would be making a discretionary decision  
18 about the water quality certification, the State Water  
19 must comply with CEQA. As Rugraw, LLC is not a public  
20 agency, the State Water Board is lead agency for CEQA and  
21 will decide the type of CEQA document to prepare and the  
22 level of Detail in that document. The State Water Board  
23 independent judgment when approving or denying the issuance  
24 of water quality certification.

Board

has

25

So the State Water Board will use the CEQA



1 document to develop an assessment of the project. The CEQA  
2 document will be used to support the action taken for the  
3 water quality certification if issued, including any  
4 conditions in the certification. The water quality  
5 certification applies to the construction of the project  
and  
6 the operation and maintenance of the project over the term  
7 of the Federal Energy Regulatory Commission license.

8 If a water quality certification is issued, the  
9 conditions in it become a mandatory part of the FERC  
10 license. Nothing in the water quality certification can  
11 preempt federal law, is additive to any conditions FERC  
12 places on the project.

13 Today and throughout the comment period, the  
14 State Water Board is seeking comments on the type of CEQA  
15 documents that should be prepared, the impacts that should  
16 be analyzed, and project alternatives. So the objectives  
of  
17 CEQA include the following, disclosed to the decision makes  
18 and the public:

19 The reason for the significant environmental  
20 effects of proposed activities, identify ways to avoid or  
21 reduce environmental damage, prevent environmental damage  
by  
22 requiring the implementation of feasible alternatives or  
23 mitigation measures, disclose to the public reasons for  
24 agency approval of projects with significant environmental

25 effects, foster interagency coordination in reviewed

1 projects and enhance public participation in the planning  
2 process.

3 Our plan for the CEQA process is to collect  
4 written and verbal comments then determine the type of CEQA  
5 document to prepare, issue a draft CEQA document for public  
6 comment and then issue a final CEQA document. There will

be

7 a public review and comment period for the draft CEQA  
8 document. The State Water Board plans on releasing a draft  
9 Water Quality Certification at the same time as the draft  
10 CEQA document.

11 The State Water Board decided that this project  
12 is not exempt from CEQA, so an exemption does not apply.  
13 The State Water Board plans to prepare 1 of 3 types of CEQA  
14 documents; a negative declaration, a mitigated negative  
15 declaration or an environmental impact report called an EIR  
16 for short. This meeting will serve as the CEQA scoping  
17 meeting if the State Water Board determines any EIR is  
18 needed.

part

19 Again, as part of the comments requested, as  
20 of this meeting and in the notice, the State Water Board is  
21 seeking input on the type of CEQA document to be prepared.  
22 If you recommend preparation of an EIR, please provide an  
23 explanation of the significant effects that you think may  
24 occur. At a minimum, the environmental document will

as 25 evaluate the environmental resources listed on this slide

EIR, 1 required by CEQA. If the State Water Board prepares an  
2 the EIR will also address growth-inducing impacts,  
3 cumulative impacts and significant unavoidable impacts if  
4 there are any.

p.m. 5 We are accepting written comments until 2:00

6 PST on Friday December 5, 2014 regarding the type of CEQA  
7 document that the State Water Board should prepare such as

a  
EIR. 8 negative declaration, mitigated negative declaration or

9 This presentation is posted to the Lassen Lodge  
10 Hydroelectric Project Webpage. State Water Board staff  
will

11 work with a consultant to develop a draft CEQA document  
12 based on the existing information and any comments  
13 collected. There will be a public comment period for the  
14 draft CEQA document.

15 Additional information is available on the State  
16 Water Board's web page for the Lassen Lodge Hydroelectric  
17 Project. You may sign up online to receive email updates  
18 related to the project and Water Quality Certification  
19 Program. For signup, go to the webpage noted in the slide.  
20 Select State Water Resources Control Board and then enter  
21 your email address and full name. Under the categories on  
22 the same page below, select Water Rights. Next, select the  
23 box for Water Quality Certification and that is the last

24 box, and click the subscribe button at the top.

25 Again, as a reminder, the comment period ends

1 Friday, December 5th, 2014. Are there any questions or  
2 comments at this time? We have a microphone here at  
another  
3 podium but we also have a roaming microphone for anyone  
that  
4 wants it. Thank you.

5 MR. BEECO: Just to be clear, at this time  
6 questions or comments or anything that FERC has presented,  
7 the Water Board has presented or the Licensee has  
presented,  
8 any questions at all and anything in the project.

9 Just so everybody knows, there are no comments  
10 from anyone online either. At this time, we will conclude  
11 this government meeting and we will see most of you if not  
12 all of you tonight at Red Bluff.

13 MS. LOBO: Thank you, everyone. Good-bye.

14 (Whereupon, at 9:55 a.m., the scoping meeting  
15 concluded.)

16

17

18

19

20

21

22

23

24







Document Content(s)

1105lassen.DOCX.....	1-32
1105lassen.TXT.....	33-97